

NATIONAL TRANSPORTATION SAFETY BOARD
OFFICE OF MARINE SAFETY

SUBJECT: Major Marine Accident, DCA 03 MM 032,
Investigation Interviews

DATE OF INTERVIEW: Monday, June 2, 2003

INTERVIEWEE: Dan Arte Fleseland
Sr. 1st Engineer, SS Norway

INTERVIEWERS: Tom Roth-Roffy, NTSB
Brian Curtis, NTSB
Ken Olsen, USCG
Steve Cmar, NCL
Chris Oelschlegel, USCG
Chris, Foong, NCL
Carlos Paillacar, USCG

P R O C E E D I N G

(2:45 p.m.)

MR. ROTH-ROFFY: Good afternoon. The time is about fourteen forty-five, the date is the 2nd of June, 2003, and we called 1st Engineer Dan Fleseland back again to ask him a couple more questions.

We appreciate you coming back and talking with us. We'd like to see if we can get anymore information from you regarding the maintenance of the boilers, if you could help us with that. I know we kind of asked that pretty extensively last time we talked to you, but, I think, we're going to be just a little more focused this time.

Again, could you remind us how long you've been on board the Norway, when you first come on board.

MR. FLESELAND: I come on board January of 1999.

MR. ROTH-ROFFY: January?

MR. FLESELAND: 1999.

MR. ROTH-ROFFY: 1999, and that was as a 2nd Engineer, is that correct?

MR. FLESELAND: Yes.

MR. ROTH-ROFFY: This is your first time as a 1st Engineer, Sr. 1st Engineer, correct?

MR. FLESELAND: Yes.

1 MR. ROTH-ROFFY: Okay. We were wondering
2 about some of the maintenance on the steam drums and
3 the water drums and water wall headers, if you recall,
4 from the time you were on board, what sort of repairs,
5 welding repairs, might have been done to those headers
6 and drums. Do you recall any such work being done?

7 MR. FLESELAND: Only that they have done some
8 plugging inside the drum.

9 MR. ROTH-ROFFY: You don't -- do you have a
10 recollection of ever seeing a welder doing any type of
11 repairs, either a contractor or a ship's welder or
12 anything like that on the boilers?

13 MR. FLESELAND: No.

14 MR. ROTH-ROFFY: Okay. Do you recall any
15 other engineers talking about any kind of repairs to
16 the drums or the headers?

17 MR. FLESELAND: No.

18 MR. ROTH-ROFFY: Something that's still not
19 clear in my mind is the maintenance, the repair
20 maintenance and whether you log that in the AMOS or
21 not. Could you tell me about that again, so maybe I
22 can understand it now? If something breaks down --

23 MR. FLESELAND: I have not done any logging
24 of any of the pipes that have broken.

25 MR. ROTH-ROFFY: Okay, but other repairs to

1 other equipment? If the day workers or the watch
2 engineer works on something and does an unscheduled
3 repair --

4 MR. FLESELAND: Then the junior 1st he's
5 writing everything down in this book.

6 MR. ROTH-ROFFY: Okay.

7 MR. FLESELAND: So, if it is something makes
8 the job done, I also have this weekly maintenance
9 report. I print out and I have it in one folder in my
10 office and it is also has been signed off to -- David,
11 and I also know that day again, David made it to
12 superintendent.

13 MR. ROTH-ROFFY: Okay, so you prepare this
14 weekly record, repairs, whatever, and you send it to
15 the Staff Chief?

16 MR. FLESELAND: Yes.

17 MR. ROTH-ROFFY: Okay, but do you enter in
18 AMOS? Do you put in AMOS repairs?

19 MR. FLESELAND: -- this kind of jobs.

20 MR. ROTH-ROFFY: I'm sorry?

21 MR. FLESELAND: No, I --

22 MR. ROTH-ROFFY: Not repairs?

23 MR. FLESELAND: No.

24 MR. ROTH-ROFFY: Okay. All right. That's
25 all I have. Brian?

1 MR. CURTIS: Once again, I think we went
2 through this in your last interview, but regarding
3 make-up feed, did anybody notify you that as of late
4 they have been consuming more make-up feed for the
5 boilers in the recent past?

6 MR. FLESELAND: No. I don't know what normal
7 is.

8 MR. CURTIS: That's all I have. Thank you.

9 MR. OLSEN: Hi. You said you were on board
10 in 1999. You mentioned that there was some work done,
11 some plugging done, but did that involve the lower
12 drum? The boiler drum, the lower drum?

13 MR. FLESELAND: Not to that boiler, but we
14 have done plugging between the ventilating tubes, not
15 the drum, the stream drum.

16 MR. OLSEN: The stream drum.

17 MR. FLESELAND: I know before the accident we
18 had some plugging of Boiler twenty-one, between headers
19 and stream drum.

20 MR. OLSEN: Well, tell us about that. When
21 you plugged them, what kind of testing did you do
22 afterwards?

23 MR. FLESELAND: We fill up the boiler with
24 distillates.

25 MR. OLSEN: Uh-huh.

1 MR. FLESELAND: And then we take the pressure
2 up to, it depends, fifty kilos or something.

3 MR. OLSEN: About fifty kilos, and what's the
4 operating pressure, sixty?

5 MR. FLESELAND: Yeah.

6 MR. OLSEN: You only take it up to fifty to
7 see if it's tight?

8 MR. FLESELAND: Well, I can't say that we do
9 that every time, but I remember last time we took it up
10 to fifty.

11 MR. OLSEN: Yeah.

12 MR. FLESELAND: If you have a leak, you will
13 see it long time before you --

14 MR. OLSEN: Have you ever taken it up to
15 ninety?

16 MR. FLESELAND: No.

17 MR. OLSEN: Or -- I'm trying to do math here.

18 MR. CURTIS: Seventy-five.

19 MR. OLSEN: Seventy-five?

20 MR. FLESELAND: No.

21 MR. OLSEN: Do you ever recall any surveyors
22 coming on board and observing a test that came up to
23 seventy-five?

24 MR. FLESELAND: I know that there have been -
25 - this -- has been on board.

1 MR. OLSEN: Uh-huh.

2 MR. FLESELAND: And done, when the boiler was
3 online, they have taken the pressure up so they can
4 test all the safety valves.

5 MR. OLSEN: Uh-huh.

6 MR. FLESELAND: But almost that is -- I don't
7 know.

8 MR. OLSEN: You haven't seen them do a hydro
9 above the operating pressure then?

10 MR. FLESELAND: I can't say how much they had
11 that time because I had nothing to do with it.

12 MR OLSEN: Okay. Okay. When you plugged the
13 tubes, did the ship's crew do it or did a shore gang do
14 it?

15 MR. FLESELAND: Ship's crew.

16 MR. OLSEN: Ship's crew. And who would be
17 involved in that process? What engineers?

18 MR. FLESELAND: Mostly the junior 1st and
19 Nicolaisen, the second engineer in the boiler room.

20 MR. OLSEN: Is that --

21 MR. FLESELAND: My assistant.

22 MR. OLSEN: Nicolaisen. So, if there was a
23 significant problem, it would be the junior 1st and
24 Nicolaisen that should know about it?

25 MR. FLESELAND: Yeah, but like I say, when

1 they do the pressure testing, then I also having a
2 look.

3 MR. OLSEN: Yeah.

4 MR. FLESELAND: If they tell me there's a
5 leak, then I have to go inside and have a look also.

6 MR. OLSEN: Yeah, and from what you recall,
7 even in these other boilers, was it a generating tube
8 leak or a ford tube or a rear wall tube, what kind of
9 tube leaks were you having?

10 MR. FLESELAND: Generating tubes and there
11 also have been the ford, before this accident, mostly
12 of the super heaters have been plugging down.

13 MR. OLSEN: Generator and superheated?

14 MR. FLESELAND: Yes.

15 MR. OLSEN: Have you ever become aware, on
16 any boiler, any of the drums, the lower drum, the mud
17 drum and the steam drum, any of the drums, have you
18 heard of or know of any types of cracking, micro-
19 cracking or thermal-cracking?

20 MR. FLESELAND: No.

21 MR. OLSEN: No. Do you -- have you ever
22 heard anyone talk of extensive welding along the seams
23 of the --

24 MR. FLESELAND: No.

25 MR. OLSEN: -- drums?

1 MR. FLESELAND: No.

2 MR. OLSEN: No. Okay, who might know
3 something about that?

4 MR. FLESELAND: That must be the people who
5 have been there a long time.

6 MR. OLSEN: Yeah.

7 MR. FLESELAND: Like the senior officers.

8 MR. OLSEN: Who?

9 MR. FLESELAND: Senior 1st, junior 1st, chief
10 engineers.

11 MR. OLSEN: Yeah. Is there anyone on board -
12 - who's been on board the longest that might know those
13 types of answers? Maybe got back to '95.

14 MR. FLESELAND: That is -- and Anvik. They
15 maybe know. I don't know.

16 MR. OLSEN: What was the first name?

17 MR. FLESELAND: Anvik -- the first name
18 Bjoern. Bjoern Anvik, and -- they may know something.
19 I have not been --

20 MR. OLSEN: Okay. No one ever discussed
21 cracks of any kind in the boiler drums, is that
22 correct, that you know of?

23 MR. FLESELAND: I don't know about anything
24 about any discussion.

25 MR. OLSEN: Okay. Have you ever -- are you

1 aware of any time a vendor has been called out to work
2 on the steam system, whether it's boiler drums or main
3 steam line, has there been any vendors, contractors,
4 that may have come out on board the ship to do work?

5 MR. FLESELAND: On the drums?

6 MR. OLSEN: Anything. Anything steam.

7 MR. FLESELAND: Yeah, we had -- in -- we had
8 one man from Norse Diesel who was there doing some
9 retubing of super heaters of Boiler twenty-four and
10 also Sheba Engineering have done some -- they have --
11 at least Boiler twenty-four and twenty-two.

12 MR. OLSEN: Are there any other companies
13 that might be used to do boiler work besides Norse
14 Diesel or Sheba Engineering?

15 MR. FLESELAND: Before it was this -- in 1999
16 dock and Harrison Pipe --

17 MR. OLSEN: Could you say that slowly?

18 MR. FLESELAND: Harrison pipe.

19 MR. OLSEN: Harrison pipe.

20 INTERVIEWING MEMBER: Harispie, actually.

21 MR. FLESELAND: Harispie, okay.

22 MR. OLSEN: Harispie, H-A-R-I-S-P-I-E,
23 something like that?

24 MR. FLESELAND: Yes.

25 MR. OLSEN: And where were they used?

1 MR. FLESELAND: That was at least they took
2 Boiler twenty-two.

3 MR. OLSEN: Uh-huh.

4 MR. FLESELAND: Ventilating tubes. I can't
5 remember if they did any super heaters, but I remember
6 they did -- that was in '99 -- I noticed they had been
7 on board before I started in the company.

8 MR. OLSEN: Uh-huh. They were used before.
9 And where are they located? In what city?

10 MR. FLESELAND: I think it is England
11 someplace.

12 MR. OLSEN: Have you ever seen any
13 specialized testing of work done, beyond a hydro test?

14 MR. FLESELAND: No.

15 MR. OLSEN: Have you ever seen them do an X-
16 ray or --

17 MR. FLESELAND: NO.

18 MR. OLSEN: -- a dye penetrant testing?

19 MR. FLESELAND: No.

20 MR. OLSEN: -- flux?

21 MR. FLESELAND: No.

22 MR. OLSEN: Okay. These weekly maintenance
23 reports that you -- would a copy of the weekly
24 maintenance report be found in the engine office on B
25 Deck?

1 MR. FLESELAND: Yes.

2 MR. OLSEN: Would receipts from some of these
3 vendors maybe, these contractors that you mentioned,
4 would they also be found in the engine office on B
5 Deck?

6 MR. FLESELAND: I don't know. I don't have
7 them. I think it must be the Chief Engineer.

8 MR. OLSEN: Chief Engineer. Does the Chief
9 Engineer work out of that -- is that really his office,
10 the engine office?

11 MR. FLESELAND: He has one on the Olympic
12 Deck.

13 MR. OLSEN: And what do you call that office?

14 MR. FLESELAND: Chief Engineer Office.

15 MR. OLSEN: Okay. Duh. I'm sorry. So we
16 have two main offices where we keep stuff; the engine
17 office on B Deck and the Chief Engineer's Office and
18 that's up by his room?

19 MR. FLESELAND: Yes.

20 MR. OLSEN: Okay.

21 MR. FLESELAND: Closest cabin on Olympic
22 Deck.

23 MR. OLSEN: Are you the person who puts the
24 boiler -- I know you said you put systems online and do
25 that, but do you put the boiler online?

1 MR. FLESELAND: No.

2 MR. OLSEN: No.

3 MR. FLESELAND: Before, when I was 2nd, if I
4 was on watch --

5 MR. OLSEN: Uh-huh.

6 MR. FLESELAND: -- in and out.

7 MR. OLSEN: Yeah. Did you ever have --

8 MR. FLESELAND: It depends which watch was
9 done at that time.

10 MR. OLSEN: Which watch, which 2nd engineer
11 watch would have the responsibility for the boiler? Do
12 you know what I mean?

13 MR. FLESELAND: Like, say before, when we
14 mostly had two and three boiler online, like after that
15 or during the standby, say from St. Thomas, then the
16 watch team it was done -- that's four to eight watch.
17 They are putting that boiler online and if they
18 maintain the speed up to the -- okay, and it is
19 normally the eight to twelve watch. Sometimes also
20 twelve to four watch which are taking that boiler out-
21 of-line again.

22 MR. OLSEN: Okay, different watches would --

23 MR. FLESELAND: Yeah. You can say mostly
24 everybody is involved because every four weeks, you're
25 changing watch.

1 MR. OLSEN: Okay. During that process, the
2 2nd engineer on watch would be in charge of bringing
3 the boiler up and putting it online?

4 MR. FLESELAND: Yes.

5 MR. OLSEN: Have you ever, as 1st engineer,
6 as Sr. 1st Engineer, have you ever had concerns on how
7 often those boilers were heated up and cooled down?

8 MR. FLESELAND: Yes.

9 MR. OLSEN: What were your concerns? Was it
10 too quickly? Too slow?

11 MR. FLESELAND: No, but like before when I
12 was in -- sometime the boiler was online for more than
13 two years.

14 MR. OLSEN: Uh-huh.

15 MR. FLESELAND: And now it's in and out very
16 often and you see also sometime -- what you call -- the
17 sedimentary --

18 INTERVIEWING MEMBER: Sediment?

19 MR. FLESELAND: Yeah -- sometime it fall off,
20 so you'd have to reboot it. Every time one boiler is
21 offline, they used to check it.

22 MR. OLSEN: Uh-huh.

23 MR. FLESELAND: Taking -- I guess, have a
24 look in the front wall.

25 MR. OLSEN: Is it correct then, to think

1 that perhaps they light off and shut down the boiler
2 too many times? Too often? A little bit?

3 MR. FLESELAND: Yeah.

4 MR. OLSEN: What happens when you do that?
5 What are some of the -- well, what could happen? Is it
6 thermal stress? What could happen if you do that?
7 What's the danger, I guess, is the question? I'm
8 sorry.

9 MR. FLESELAND: I can't say -- because heat
10 up and cool down so many times, but I don't know. I
11 think about -- how would you say -- what did you call --
12 - thermal --

13 MR. OLSEN: Thermal expansion, contraction?

14 MR. FLESELAND: I have not think about --
15 what I think about is stress, you can say.

16 MR. OLSEN: Yeah.

17 MR. FLESELAND: To metal, but I never thought
18 about anything like this could happen.

19 MR. OLSEN: Yeah. I sort of asked this in
20 another question earlier, but did any other engineers
21 at your level express concern over the way they
22 operated the boilers; up and down and up and down? Did
23 any of the other engineers feel the same way,
24 generally?

25 MR. FLESELAND: Yes.

1 MR. OLSEN: Yeah.

2 MR. FLESELAND: Because it mostly makes more
3 work for us, then we have leaks.

4 MR. OLSEN: Yeah, the -- expand and crack?

5 MR. FLESELAND: Mostly, the pipes, in the --
6 pipes, super heater pipes.

7 MR. OLSEN: Now, did you shut the boiler down
8 because of saving fuel?

9 MR. FLESELAND: Yes.

10 MR. OLSEN: That was the procedure?

11 MR. FLESELAND: Yes.

12 MR. OLSEN: I saw signs in the control room
13 that talk about keeping minimum, excess air to save
14 fuel?

15 MR. FLESELAND: Yes.

16 MR. OLSEN: How -- your super heat
17 temperature, how was it low or was it normal, or was
18 normal low?

19 MR. FLESELAND: Do you mean when we are on
20 low firing?

21 MR. OLSEN: No, generally. General super
22 heat --

23 MR. FLESELAND: -- you use to maintain just
24 below 490 degrees something.

25 MR. OLSEN: Four ninety?

1 MR. FLESELAND: Four eighty, I think it is.

2 MR. OLSEN: Four eighty c?

3 MR. FLESELAND: Four eighty or four, yeah,
4 four eighty.

5 MR. OLSEN: Do you know at what temperature
6 your high temperature super heater alarm went off?

7 MR. FLESELAND: Four ninety, just over four
8 ninety, I think. I can't say -- did you say when it
9 went off?

10 MR. OLSEN: Yeah, the alarm sounded. What
11 was --

12 MR. FLESELAND: -- the alarm go off again or
13 when did it go on?

14 MR. OLSEN: Just first time it sounds. At
15 what temperature is your high super heat alarm
16 temperature?

17 MR. FLESELAND: Four eighty-six, four eighty-
18 eight. I can't say --

19 MR. OLSEN: Okay.

20 MR. FLESELAND: -- I also don't know if it is
21 set in the monitor safe or boiler, I can't say.

22 MR. OLSEN: Yeah, it might vary on the
23 setting.

24 MR. FLESELAND: But it should be set.

25 MR. OLSEN: With the frequent lighting off

1 and securing boilers, did you feel confident that the
2 other engineers adequately knew of the safety issues
3 and the precautions necessary or did you have some
4 engineers that you may have felt a little uneasy about?

5 MR. FLESELAND: Yes, some more than this.

6 MR. OLSEN: Has or were any of those
7 engineers fired because of their inability to properly
8 operate the boilers?

9 MR. FLESELAND: If I feel that somebody don't
10 know it good enough, then I'll also not allow them to
11 do it. That also being -- then -- like this three
12 months I've been around they have not been taking out,
13 so -- of course, we have them nearly three online.

14 MR. OLSEN: Excuse me? You have them --

15 MR. FLESELAND: We have nearly three boiler
16 online --

17 MR. OLSEN: All the time?

18 MR. FLESELAND: -- all the time. For these
19 three last months.

20 MR. OLSEN: Did the schedule change and is
21 that the reason why you have to have them on the line?

22 MR. FLESELAND: When I come back from
23 vacation, there was a problem with the generator, mach
24 seventy, so it was --

25 MR. OLSEN: I see.

1 MR. FLESELAND: -- that's why I need some
2 extra steam for turbine generator.

3 MR. OLSEN: I see. Has there been any times
4 where the fact that they were on the line presented a
5 problem because it wanted to get into the boiler to do
6 work or shut it down?

7 MR. FLESELAND: No.

8 MR. OLSEN: Okay. I think I'm good for now.

9 MR. OELSCHLEGEL: Yes. Chris Oelschlegel. I
10 had one question. When you have a maintenance item
11 that you thought was beyond a regular ship's force
12 maintenance that you thought is something that should
13 be done in the shipyard, was there a procedure, or did
14 you have input on writing shipyard specifications?

15 MR. FLESELAND: No.

16 MR. OELSCHLEGEL: No. Okay. That's all I
17 had. Thank you.

18 MR. CMAR: I don't have any questions.

19 MR. ROTH-ROFFY: I'd like to follow up on
20 what Ken Olsen was asking about the boilers, cutting
21 them in and out. You said that, since you've been
22 back, this trip, which is I believe ten weeks, are you
23 ready to go on vacation now?

24 MR. FLESELAND: Yeah, I was supposed to go
25 the same day as --

1 MR. ROTH-ROFFY: Okay, so, for the past ten
2 weeks, you've been running three boilers, but the time,
3 your previous contract, you were cutting them in and
4 out and I think you described to us how you were doing
5 that every trip you would go down, you would leave
6 Miami with two boilers?

7 MR. FLESELAND: Yes.

8 MR. ROTH-ROFFY: And then at some point you
9 would light off a third boiler and steamed Miami on
10 three boilers?

11 MR. FLESELAND: No, to Bahamas.

12 MR. ROTH-ROFFY: To Bahamas, and then would
13 you go back to two boilers?

14 MR. FLESELAND: Yes.

15 MR. ROTH-ROFFY: So, each time you would
16 leave with two boilers, go to three boilers, go back
17 down to two boilers each trip, each seven days, and how
18 did you select which boiler would be shut off? Did you
19 have some kind of a strict rotation system to equalize
20 hours or how did you do that?

21 MR. FLESELAND: No, that is -- if they --
22 normally, they have three thousand hours routine leave
23 in the boiler room and they would try to take it out
24 and do some repair with this -- for example, first they
25 clean, wash the boiler, and then they normally have

1 to do some more in Miami, so it depends on what kind of
2 a decision they -- like you know if you have -- if you
3 have to take a three thousand hour routine, then you
4 would have to take out that boiler.

5 MR. ROTH-ROFFY: Did you try to equalize
6 hours so that -- what did you -- stagger them so, you
7 know, you would be able to plan for your three thousand
8 hour -- did you have some kind of a schedule like that?

9 MR. FLESELAND: No.

10 MR. ROTH-ROFFY: Who determined which boiler
11 to shut off after you left Miami, I mean, after -- no,
12 you left Miami with two boilers, who determined which
13 boiler to start up, to light off? Was that your
14 guidance?

15 MR. FLESELAND: No, it's not me, but from
16 before we, when I was 2nd Engineer, and I come on
17 watch, and I know that one boiler should be out or in.
18 It was normally the man who had the boiler, his
19 assistant.

20 MR. ROTH-ROFFY: Okay, so --

21 MR. FLESELAND: And also sometime the Chief
22 Engineer also write it in this one book he has in
23 columns for night totals.

24 MR. ROTH-ROFFY: Okay, so the Chief --

25 MR. FLESELAND: If I come on watch and

1 I did not know whose boiler it was, then I always
2 checked there, in that book.

3 MR. ROTH-ROFFY: Okay, so the Chief Engineer
4 wrote night orders every night or was it the 1st
5 Engineer?

6 MR. FLESELAND: No, not every night, but he
7 did, for example, every night before -- if he had a
8 standby the next morning, he would write down.

9 MR. ROTH-ROFFY: Okay, and that night order
10 book, is it a thick log book, handwritten or is it a
11 computer --

12 MR. FLESELAND: Handwritten.

13 MR. ROTH-ROFFY: Okay.

14 MR. FLESELAND: Thick like this.

15 MR. ROTH-ROFFY: Okay, that's about an inch
16 thick, just for the record or twenty five, two point
17 five four centimeters. And where is that book kept?
18 Is it kept in the Chief's office or down in the control
19 room?

20 MR. FLESELAND: Down in the control room.

21 MR. ROTH-ROFFY: Okay.

22 MR. FLESELAND: On top of the -- drawer.

23 MR. ROTH-ROFFY: Now, please describe the
24 procedure that you have used in starting up a boiler.
25 Say you're on watch and you knew that you had a to

1 start up a boiler, the third boiler say, would you
2 describe the warm-up procedure that you used to use
3 when you were sailing 2nd and junior on your watch?
4 You know, the firing, cutting in and --

5 MR. FLESELAND: It is the stoker who's
6 actually doing it.

7 MR. ROTH-ROFFY: Right.

8 MR. FLESELAND: Like firing -- normally, say,
9 if it was on my watch, we have to put it online. They
10 would have started with this in the morning. So, if
11 there was, say, I come on watch at four o'clock, we had
12 maybe already -- so we use to put it online after we
13 start sailing. Say like, when the steam front needs
14 more steam, slowly, slowly, put it online, say around
15 when we have it around seventy rpm.

16 MR. ROTH-ROFFY: Okay. Could you describe in
17 more detail -- well, maybe start this way -- if you
18 needed a boiler by a certain time, when would you start
19 firing it? When would you start warming it up or when
20 would you begin warming it up?

21 MR. FLESELAND: It was the same every week.
22 Today they start in the morning around eight o'clock.

23 MR. ROTH-ROFFY: They will start around eight
24 o'clock in the morning firing it and then --

25 MR. FLESELAND: It also depends for how long

1 time it had been out, but, normally, around eight
2 o'clock.

3 MR. ROTH-ROFFY: Okay. Yeah, say it hadn't
4 been out, hadn't been water-washed and there was no
5 refractory work that had to be dried out, say it had
6 been shut down the week before, it would start firing
7 around eight o'clock and then --

8 MR. FLESELAND: Maybe a little -- I can't
9 just know to say six o'clock --

10 MR. ROTH-ROFFY: On the eight to twelve
11 watch.

12 MR. FLESELAND: -- or eight o'clock.
13 Sometime also like they, say, the man at the boiler, he
14 may have some tests maybe already in the evening, just
15 so that he know that there's not any problem.

16 MR. ROTH-ROFFY: Right.

17 MR. FLESELAND: So that is already ready for
18 lighting.

19 MR. ROTH-ROFFY: At sometime early in the
20 morning, six or eight o'clock in the morning --

21 MR. FLESELAND: Eight o'clock they would
22 normally start.

23 MR. ROTH-ROFFY: They would put fire in there
24 and they would start it firing. Would they fire it
25 continuously?

1 MR. FLESELAND: Oh, no.

2 MR. ROTH-ROFFY: Would they stop and start
3 the fire?

4 MR. FLESELAND: Yes.

5 MR. ROTH-ROFFY: Do you know what type of
6 schedule they had for starting and stopping a fire?

7 MR. FLESELAND: I can't say exactly how many
8 minutes, around five minutes -- five -- how long it's
9 out. In the beginning, maybe it is around -- I'm not
10 sure how long the time they -- they stop.

11 MR. ROTH-ROFFY: Okay. You're not trying to
12 just --

13 MR. FLESELAND: In the beginning.

14 MR. ROTH-ROFFY: -- remember something that

15 MR. FLESELAND: I would say everything was
16 written down in that log book that they have, the
17 stokers, just exactly how minute in and out.

18 MR. ROTH-ROFFY: You don't remember?

19 MR. FLESELAND: Not -- I can't say how long
20 they do in the beginning, I don't know.

21 MR. ROTH-ROFFY: Okay, and when you would
22 come on watch, you had the twelve to four watch? You
23 said it was already twenty kilos.

24 MR. FLESELAND: If I come on watch four to
25 eight.

1 MR. ROTH-ROFFY: Oh, four to eight, it
2 already had twenty kilos.

3 MR. FLESELAND: And the ten to four watch,
4 maybe it's slower -- start to rise past -- in the end
5 of ten to four watch.

6 MR. ROTH-ROFFY: About twenty kilos. And
7 then, how much further would you fire it on the --

8 MR. FLESELAND: Four to eight watch?

9 MR. ROTH-ROFFY: Yeah.

10 MR. FLESELAND: Let's say -- around, say,
11 standby then they may have already forty-five kilo, and
12 then they slowly take it up. It depends how long time.
13 Sometimes the ship is delayed. Sometimes so many
14 passengers coming back really late, so it depends it
15 has to take an extra trip. That also happens
16 sometimes. So I can't say exactly.

17 MR. ROTH-ROFFY: I'm just -- I appreciate you
18 being patient with me, but I was just trying to get an
19 idea of how quickly you raised it from cold, you know,
20 up to full pressure. Was it about twelve hours?

21 MR. FLESELAND: No, it's --

22 MR. ROTH-ROFFY: From the time they loaded
23 off until the time it was put online.

24 MR. FLESELAND: --on line?

25 MR. ROTH-ROFFY: Pardon me?

1 MR. FLESELAND: You mean from the start of
2 lighting to when they put it online?

3 MR. ROTH-ROFFY: Right.

4 MR. FLESELAND: Say eight, ten hours.

5 MR. ROTH-ROFFY: Okay. So, if they started
6 at eight in the morning, four in the afternoon, you
7 would put it online?

8 MR. FLESELAND: Six.

9 MR. ROTH-ROFFY: Six o'clock?

10 MR. FLESELAND: Around six.

11 MR. ROTH-ROFFY: Around six in the evening,
12 you would put in online, and that was for arrival to?

13 MR. FLESELAND: To start sailing, to raise it
14 okay.

15 MR. ROTH-ROFFY: I'm sorry?

16 MR. FLESELAND: When we leave St. Thomas, for
17 example.

18 MR. ROTH-ROFFY: Okay.

19 MR. FLESELAND: But no one has the most to
20 have the boiler all the time when standby is now around
21 four o'clock from St. Thomas.

22 MR. ROTH-ROFFY: Okay, and you would leave
23 St. Thomas with three boilers and you were steamed to
24 Bermuda with three boilers?

25 MR. FLESELAND: Yes.

1 MR. ROTH-ROFFY: And when you left Bermuda,
2 would you go -- or arrival --

3 MR. FLESELAND: Two boilers?

4 MR. ROTH-ROFFY: Okay, and then, how would
5 you cool that boiler off? What was your procedure?
6 Would you just bottle it up or would you leave the
7 vents open for a time or how would you do that?

8 MR. FLESELAND: They dry -- say like the
9 funnel vent, it's open to we come down to fifty-five
10 kilos.

11 MR. ROTH-ROFFY: So you leave the funnel vent
12 open until it came down to fifty-five kilos?

13 MR. FLESELAND: Yes, approximately fifty-
14 five, and then, all the dryness open. So slowly the
15 boiler will pour out the steam, but they maintain the
16 water level.

17 MR. ROTH-ROFFY: Right.

18 MR. FLESELAND: Also, they have -- blow down
19 after they take the boiler offline.

20 MR. ROTH-ROFFY: They've given a bottom blow?

21 MR. FLESELAND: Yes.

22 MR. ROTH-ROFFY: Every time they took it off
23 they would bottom blow it?

24 MR. FLESELAND: Yes.

1 MR. ROTH-ROFFY: So about how long would it
2 take for the steam pressure to drop down to zero?

3 MR. FLESELAND: That depends on what's the --
4 say at least two hours. Do you mean before it is
5 totally zero?

6 MR. ROTH-ROFFY: Right.

7 MR. FLESELAND: At least two hours.

8 MR. ROTH-ROFFY: Two hours?

9 MR. FLESELAND: At least.

10 MR. ROTH-ROFFY: So then, when you left
11 Bermuda, the boiler would be off, and from Bermuda did
12 you go to Miami?

13 MR. FLESELAND: With two boilers.

14 MR. ROTH-ROFFY: With two boilers, okay. And
15 was that the normal way you cooled it down, or did it
16 vary?

17 MR. FLESELAND: -- to keep one of the forced
18 draft fans running.

19 MR. ROTH-ROFFY: To help cool it down a
20 little bit?

21 MR. FLESELAND: Yeah.

22 MR. ROTH-ROFFY: Did they run it on low speed
23 or high speed or do you remember? The forced draft
24 fan?

1 MR. FLESELAND: They take it down to twenty-
2 five percent.

3 MR. ROTH-ROFFY: I'm sorry? Twenty-five
4 percent on the forced draft fan?

5 MR. FLESELAND: Yes.

6 MR. ROTH-ROFFY: Damper position?

7 MR. FLESELAND: Yes.

8 MR. ROTH-ROFFY: Was it one fan or two fans
9 running? The upper and lower or just the lower?

10 MR. FLESELAND: You have always one fan
11 running. If they open up on the inside, then they have
12 to stop it, but so long as the boiler, you can say our
13 standby, there's always one fan running.

14 MR. ROTH-ROFFY: And the drum vent, did you
15 open that before it got to zero or not? Was that
16 something you normally did? I mean, if you already
17 drained it through the drains, it's probably --

18 MR. FLESELAND: No. I never opened it.

19 MR. ROTH-ROFFY: Never opened --

20 MR. FLESELAND: No. Only the drain.

21 MR. ROTH-ROFFY: And which drains was it?
22 Super heater drains?

23 MR. FLESELAND: All of them.

24 MR. ROTH-ROFFY: All of the drains you had
25 opened up?

1 MR. FLESELAND: Yes.

2 MR. ROTH-ROFFY: And the fan, you said you
3 ran it at twenty-five percent. Is that as soon as you
4 put the fires out and purged it out, would you start
5 the fan on it or did you start the fan later?

6 MR. FLESELAND: The fan's running all the
7 time.

8 MR. ROTH-ROFFY: Running all the time. So,
9 as soon as the fire is --

10 MR. FLESELAND: Is out, you take it down to
11 twenty, twenty-five.

12 MR. ROTH-ROFFY: Okay, Dan, I think -- Brian
13 Curtis.

14 MR. CURTIS: Dan, you mentioned that you had
15 concerns with the frequency of the boiler being brought
16 up and down, and you mentioned that you've spoken with
17 others regarding this, that they had concerns as well.
18 Was that this trip?

19 MR. FLESELAND: When you -- been some
20 plugging, you can say leak, I don't feel that is
21 normally, but the boiler is not new. It's old. So you
22 can see how that was more maintenance than normally.

23 MR. CURTIS: Right. And because of your
24 concerns, did you speak with your superiors regarding
25 this matter?

1 MR. FLESELAND: No.

2 MR. CURTIS: The stoker book, is that the
3 book that's kept in the --

4 MR. FLESELAND: Telephone --

5 MR. CURTIS: -- telephone --

6 MR. FLESELAND: Yes.

7 MR. CURTIS: And what information is held in
8 that? What information would be written in that book?

9 MR. FLESELAND: Say when they start lighting,
10 when they put boiler online, offline, bottom blow,
11 things like that. Every watch write what they had
12 wrong.

13 MR. CURTIS: Did every watch use that same
14 book or did each watch have their own book?

15 MR. FLESELAND: Same book. Also, they would
16 say if they cleaned the fuel -- filter like they do,
17 like they did one times a week.

18 MR. CURTIS: That's all I have. Thank you,
19 Dan.

20 MR. OLSEN: I just want to touch back on Tom
21 so I get it clear. When you secured the boiler, did
22 you always drain them out? Was that more the routine
23 draining them out completely or did you just blow it
24 down some, but still keep water in the glass? How high
25 was the water level when it was completely secured and

1 there was no pressure, how high was --

2 MR. FLESELAND: Normal level.

3 MR. OLSEN: Normal water level?

4 MR. FLESELAND: Yes.

5 MR. OLSEN: But the fan was running?

6 MR. FLESELAND: Yes.

7 MR. OLSEN: But the fan was kept on. Okay,
8 that's clear. Who sets the procedures for securing the
9 boiler? Who's in charge of those procedures?

10 MR. FLESELAND: It's something they have done
11 since they buy the ship.

12 MR. OLSEN: Yeah.

13 MR. FLESELAND: Because the routine was -- he
14 was already there when I come so.

15 MR. OLSEN: Did anyone ever say: Gee, we
16 need to talk about the Chief Engineer about cooling
17 this thing down so quickly with the fan on?

18 MR. FLESELAND: Not that I know.

19 MR. OLSEN: How many registers were left open
20 when the fan was running?

21 MR. FLESELAND: You mean to take out?

22 MR. OLSEN: No. You know how you got the
23 damper, your registered damper, the piston and it opens
24 the veins?

25 MR. FLESELAND: They're all closed. When

1 they take the boiler offline, they take out all of the
2 dampers.

3 MR. OLSEN: So, all the dampers were closed?

4 MR. FLESELAND: Yes.

5 MR. OLSEN: Well, how did the air get through
6 the boiler then?

7 MR. FLESELAND: It's only -- when -- and they
8 have the fan in the --

9 MR. OLSEN: Uh-huh. So it was going all
10 around the boiler, and only a little bit was going in
11 the boiler whatever leaked by the veins?

12 MR. FLESELAND: Yeah. Of course, there -- in
13 the center of -- you have where the -- used to be.

14 MR. OLSEN: Yeah.

15 MR. FLESELAND: -- that would still be open.

16 MR. OLSEN: Going in from --

17 MR. FLESELAND: --

18 MR. OLSEN: Did anyone every talk about
19 changing those procedures?

20 MR. FLESELAND: No.

21 MR. OLSEN: Shutting off the fan? Closing
22 the vents?

23 MR. FLESELAND: No.

24 MR. ROTH-ROFFY: Okay. I hate to interrupt,
25 but the tape is about finished on this side, so we'll

1 stop the tape and flip it over.

2 (Whereupon, the parties went off the record
3 and the interview subsequently resumed.)

4 MR. ROTH-ROFFY: It's twenty-eight minutes
5 after three o'clock and we're on tape, side 2, of our
6 interview with Dan, the 1st Engineer. Ken Olsen?

7 MR. OLSEN: Do you know why the procedure was
8 to keep the fan running?

9 MR. FLESELAND: No.

10 MR. OLSEN: Did you ever look at the
11 instructions in the boiler book, or the boiler manual,
12 were the instructions the same as the procedure that
13 was being used?

14 MR. FLESELAND: I don't know.

15 MR. OLSEN: Okay. Other manuals, did you
16 ever see any information on the ship's documents that
17 had the steps for securing a boiler?

18 MR. FLESELAND: No.

19 MR. OLSEN: If you, on you own, without
20 talking to the Chief Engineer, and you made the
21 decision to shut the fan off, or to shut the vents,
22 would you have been reprimanded or would you have
23 gotten in trouble to change the procedure?

24 MR. FLESELAND: I don't know.

25 MR. OLSEN: You don't know.

1 MR. FLESELAND: That has never -- I never
2 thought about it.

3 MR. OLSEN: Yeah.

4 MR. FLESELAND: This was just normal routine,
5 so I just keep it running same as they always have
6 done.

7 MR. OLSEN: Yeah. All right. I think I'm
8 done.

9 MR. PAILLACAR: Carlos Paillacar, U.S. Coast
10 Guard, Marine Safety Office. When you did your three
11 thousand hour, when you turn off the boiler for the
12 clean-up inside, would somebody go in and check, let's
13 say, the drums? Did someone do a visual inspection of
14 all other systems, other than the furnace for cleaning?

15 MR. FLESELAND: Not inside the drum.

16 MR. PAILLACAR: But they would look at the
17 condition of the pipes and the furnace?

18 MR. FLESELAND: Yeah, and look at the
19 sedimentary on the front wall, or the back -- plates
20 and all these things.

21 MR. PAILLACAR: When would a more extensive,
22 visual inspection occur with ship personnel, at some
23 point say the drums, would there be at any point, one
24 of the ship engineers do a visual inspection of the
25 drums?

1 MR. FLESELAND: I have not seen nobody -- it
2 must be only the classification.

3 MR. PAILLACAR: Now would that be conducted
4 by the class society?

5 MR. FLESELAND: Yeah.

6 MR. PAILLACAR: Okay.

7 MR. FLESELAND: That's only I know.

8 MR. PAILLACAR: Nothing more questions.

9 MR. ROTH-ROFFY: Okay, we're almost done with
10 you. Was there a procedure, a posted procedure, in the
11 boiler room that outlined or described how you would
12 start it up and fire it?

13 MR. FLESELAND: No.

14 MR. ROTH-ROFFY: Was there a procedure in the
15 boiler room posted that described how you should shut
16 it down and open the vents and open the drains and
17 forced draft fan?

18 MR. FLESELAND: No.

19 MR. ROTH-ROFFY: There was nothing that gave
20 you a step-by-step on how to do that?

21 MR. FLESELAND: No.

22 MR. ROTH-ROFFY: So, it was just kind of
23 passed to you as, you know, the way you've always done
24 it? Everybody knew how to do it?

25 MR. FLESELAND: Yeah.

1 MR. ROTH-ROFFY: Would you say that?

2 MR. FLESELAND: Yes.

3 MR. ROTH-ROFFY: Do you know if there was a
4 procedure in the ISM Manual that would have covered
5 this, you know, starting up, lighting off boilers and
6 shutting them down?

7 MR. FLESELAND: I have not read. I read all
8 through this ISM books and I have not seen any specific
9 step-by-step process.

10 MR. ROTH-ROFFY: Okay. You mentioned that,
11 as a result of the frequent cutting in and cutting out
12 of boilers that you had more maintenance and you
13 thought maybe it was caused by that. Could you
14 describe some of those maintenance items that you
15 thought occurred more frequently than they should have?
16 You said more than normal, I believe, is what you said.
17 I think you said about piping systems had leaks, right?

18 MR. FLESELAND: If you have the boiler online
19 and you get a leak, then you have to take it out. If
20 it is leaking badly. We try to take it out as soon as
21 possible.

22 MR. ROTH-ROFFY: A leak?

23 MR. FLESELAND: You will see it on the
24 reading for the distillate consumption, and you also

1 see on the make-up system. You may get low levels
2 along, for say, the --.

3 MR. ROTH-ROFFY: Okay, but the increased
4 leaks, where were they? On the boilers themselves or
5 the main steam piping to the main engines?

6 MR. FLESELAND: No, no. That is, as I say,
7 the generating tubes mostly.

8 MR. ROTH-ROFFY: Oh, generating tubes. How
9 about flanges and packing glands, did you have any kind
10 of --

11 MR FLESELAND: -- any leaks as long as I have
12 been there on the steam lines, super heater lines.

13 MR. ROTH-ROFFY: Okay. Brian Curtis?

14 MR. CURTIS: I actually have one question.
15 Brian Curtis. I realize you've never taken the
16 pressure, working pressure, but just for clarification,
17 when the class society was there doing their boiler
18 test, did you ever see the safety valves gagged, so
19 they could take the pressure above working pressure,
20 and they wouldn't lift so that you could check above
21 the working pressure, or the safety valve working
22 pressure?

23 MR FLESELAND: That time they gave us -- they
24 did lift when they should lift, the safety valves.

25 MR. CURTIS: But did you --

1 MR. FLESELAND: I was not there when they
2 were doing it. I was on the ship, but I was not on
3 watch.

4 MR. CURTIS: During the class survey?

5 MR. FLESELAND: No. No.

6 MR. CURTIS: So you've never seen the safety
7 valves gagged then?

8 MR. FLESELAND: No.

9 MR. CURTIS: That's all I have. Thank you.

10 MR. OLSEN: Just some other questions. You
11 have steam license. Tell us about your license. Is it
12 steam and motor, steam?

13 MR. FLESELAND: Steam and motor. As a 1st
14 Engineer, steam and motor, class two.

15 MR. OLSEN: Steam and motor, class two. What
16 would a Chief Engineer have?

17 MR. FLESELAND: Class one.

18 MR. OLSEN: Class one, okay. That's just
19 different terminology than us. Now, in those
20 examinations, are their segments that deal with boilers
21 difficult or are they -- how tough is the steam
22 examination for steam Chief Engineer? Do they
23 adequately test -- in your opinion, I realize --

24 MR. FLESELAND: Do you mean when he goes to
25 school?

1 MR. OLSEN: Yeah.

2 MR. FLESELAND: I don't know how to say how
3 hard or tough, but it was tough enough.

4 MR. OLSEN: Yeah. That's good enough. Are
5 they as thorough in steam as they are in diesel
6 propulsion to study and the examination?

7 MR. FLESELAND: Mostly, as I know other
8 people to say, they feel it is more harder to take the
9 steam than the motor. When you take the -- school, you
10 have both of them, never mind if you are taking -- if
11 you are sailing on a motor vessel and you go through --
12 school, you also have to take the steam part.

13 MR. OLSEN: Is that for auxiliary boilers or
14 does it also include main propulsion boilers?

15 MR. FLESELAND: Main propulsion boilers.

16 MR. OLSEN: Okay.

17 MR. FLESELAND: Main steam plants.

18 MR. OLSEN: Okay. Done.

19 PANEL MEMBER: One question. When the ship
20 is going into -- you've been on the ship about four
21 years now, since 1999 -- do you -- when the ship is
22 scheduled to go to the shipyard, do you, as the
23 Engineer, go to the shipyard with the ship, or --

24 MR. FLESELAND: Yes.

25 PANEL MEMBER: You do?

1 MR. FLESELAND: Yes.

2 PANEL MEMBER: Okay. Okay. And, I guess,
3 does it depend upon which engineering position you have
4 on the ship which maintenance jobs are being done in
5 the shipyard that you have to keep a watch on or an eye
6 on?

7 MR. FLESELAND: They split it up -- some have
8 their own system like that.

9 PANEL MEMBER: And who would normally have --
10 if there was any main propulsion boiler work scheduled
11 for the shipyard, which engineer on the ship would have
12 responsibility for the main propulsion boilers or does
13 it change from shipyard to shipyard?

14 MR. FLESELAND: Depends again who is on
15 board, but for my time here, it has been mostly two
16 guys who have changed. One's on vacation. The last
17 time I was in dry dock it was both on at the same time.

18 PANEL MEMBER: Okay.

19 MR. FLESELAND: And then there was two of
20 them there.

21 PANEL MEMBER: Okay, which engineers, I mean,
22 at which level?

23 MR. FLESELAND: 2nd Engineer.

24 PANEL MEMBER: 2nd Engineer, okay. That's
25 all I have.

1 MR. PAILLACAR: Carlos Paillacar. When the
2 class society came to do the survey, do you know how
3 long, how much time, they had spent on one boiler to do
4 all the tests on that boiler?

5 MR. FLESELAND: Oh, I can't say. I can't say
6 for how many, one, two -- I don't know. You mean to
7 take the test?

8 MR. PAILLACAR: Yeah, to do all that --
9 within the boiler. How long it would take a surveyor
10 to do the tests for a boiler? To test all the systems,
11 to do any pressure testing that he would have to do to
12 do the boiler survey?

13 MR. FLESELAND: I can't say. I don't know.

14 MR. PAILLACAR: Okay.

15 MR. ROTH-ROFFY: You have a class two
16 license. Is that like a 1st Engineer's license?

17 MR. FLESELAND: Yes.

18 MR. ROTH-ROFFY: Is it a Norwegian license or
19 a Bermuda license or both?

20 MR. FLESELAND: That is a Norwegian one, but,
21 you know, after I get promoted to 1st Engineer, then we
22 have to apply again to the Bohemian and I have still
23 not got that back, but I have ten weeks ago.

24 MR. ROTH-ROFFY: Okay, did the ship recently
25 reflag from Norwegian to Bahamas or do you know? When

1 you sailed last trip, did you have a Bahamas license?

2 MR. FLESELAND: Yes, as a 2nd Engineer.

3 MR. ROTH-ROFFY: Okay, and you also had a
4 Norwegian --

5 MR. FLESELAND: --

6 MR. ROTH-ROFFY: -- 2nd Engineer? You
7 mentioned there's a problem with the Mac Diesel 17 or
8 18?

9 MR. FLESELAND: Seventeen.

10 MR. ROTH-ROFFY: Yeah, and I believe the
11 first time you talked you said it was a rewind problem?

12 MR. FLESELAND: Yes.

13 MR. ROTH-ROFFY: Do you know -- is it out in
14 the shipyard, I mean, ashore or are they working on it
15 now or --

16 MR. FLESELAND: They're working on it now.
17 It is back on again.

18 MR. ROTH-ROFFY: Oh, it is back on?

19 MR. FLESELAND: It's -- from seamen who is
20 working to --

21 MR. ROTH-ROFFY: Okay, has it been completely
22 fixed now or are they still working on it?

23 MR. FLESELAND: Still working.

24 MR. ROTH-ROFFY: How long have they been
25 working on it?

1 MR. FLESELAND: They -- when it come back
2 here for -- was it May 18th, and we -- down to the
3 boiler room and the seamen's people they -- they come
4 on board the same day as accident, but I think they
5 come two or three days later because they did not allow
6 them to come aboard.

7 MR. ROTH-ROFFY: So the standard was ashore
8 for rewinding, is that correct, or just came back?

9 MR. FLESELAND: No.

10 MR. ROTH-ROFFY: Okay.

11 MR. FLESELAND: It took maybe two months to
12 do it.

13 MR. ROTH-ROFFY: That's all I have. Brian?
14 Okay, Dan, we are done with you. Thank you very much,
15 again. You've been very, very helpful. The time is
16 about twenty minutes to four and that concludes our
17 interview.

18 (Whereupon, at 3:40 p.m., the interview of
19 Mr. Dan Arte Fleseland was concluded.)